

In The Matter Of:

WATER PLANNING COUNCIL STEERING COMMITTEE

*Meeting
December 22, 2015*

*BCT Reporting LLC
PO Box 1774
Bristol, CT 06010
860.302.1876*

To open files, click on the desired file type in bookmark on left.

For quick saving or searching multiple files, click attachments tab (or paperclip) on left.

For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher
(www.adobe.com).